

STATE WATER RESOURCES CONTROL BOARD

PUBLIC HEARING

THE LEGAL CLASSIFICATION OF GROUNDWATER APPROPRIATED UNDER  
WATER RIGHT PERMIT 14853 (APPLICATION 21883) OF  
NORTH GUALALA WATER COMPANY  
MENDOCINO COUNTY, CALIFORNIA

TUESDAY, JUNE 4, 2002

9:00 A.M.

CAL/EPA BUILDING  
COASTAL HEARING ROOM  
SACRAMENTO, CALIFORNIA

REPORTED BY:

ESTHER F. SCHWARTZ  
CSR 1564

CAPITOL REPORTERS (916) 923-5447

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

STATE WATER RESOURCES CONTROL BOARD:

ARTHUR G. BAGGETT, JR., CHAIR  
PETE SILVA  
GARY CARLTON

STAFF:

PAUL MURPHEY

COUNSEL:

BARBARA LEIDIGH

---oOo---

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

REPRESENTATIVES

NORTH GUALALA WATER COMPANY:

BARTKIEWICZ, KRONICK & SHANAHAN  
1011 Twenty-Second Street  
Sacramento, California 95816  
BY: ALAN B. LILLY, ESQ.

DEPARTMENT OF FISH AND GAME:

HARLLEE BRANCH, ESQ.  
1416 Ninth Street, 12th Floor  
Sacramento, California 95814

NATIONAL MARINE FISHERIES SERVICE:

STACY K. LI  
777 Sonoma Avenue, Room 325  
Santa Rosa, California 95404

JEROME P. LUCEY:

JEROME P. LUCEY  
66 Manderly Road  
San Rafael, California 94901

DIVISION OF WATER RIGHTS - PERMITTING TEAM:

OFFICE OF CHIEF COUNSEL  
1001 I Street  
Sacramento, California 95814  
BY: ERIN K.L. MAHANEY, ESQ.

---oOo---

1	INDEX	
2	RESUMPTION OF HEARING:	PAGE
	REBUTTAL	206
3	DEPARTMENT OF FISH AND GAME:	
	KIT CUSTIS:	
4	DIRECT EXAMINATION	
	BY MR. BRANCH	206
5	CROSS-EXAMINATION	
	BY MR. LILLY	211
6		
	NORTH GUALALA WATER COMPANY:	
7		
	JOHN PHILLIPS:	
8	DIRECT EXAMINATION	
	BY MR. LILLY	214
9	JOSEPH C. SCALMANINI:	
	DIRECT EXAMINATION	
10	BY MR. LILLY	222
	CROSS-EXAMINATION OF PANEL	
11	BY MR. BRANCH	254
	BY THE STAFF	259
12	REDIRECT EXAMINATION	
	BY MR. LILLY	267

---oOo---

14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

SACRAMENTO, CALIFORNIA

WEDNESDAY, JUNE 5, 2002, 9:00 A.M.

---oOo---

CHAIRMAN BAGGETT: Good morning.

We are back for rebuttal testimony. I guess first up is Fish and Game.

---oOo---

DIRECT EXAMINATION OF DEPARTMENT OF FISH AND GAME

BY MR. BRANCH

MR. BRANCH: I have five questions. Hopefully we will be fairly brief.

Mr. Custis, you mentioned in your written testimony that you analyzed 17 wells in the Gualala watershed. How many of those wells were extracting water from the Franciscan formation?

MR. LILLY: Excuse me, I am going to object. I don't think this is rebuttal. I don't hear that this is rebuttal.

MR. BRANCH: It was brought up on cross-examination yesterday. I would like to rebut that.

CHAIRMAN BAGGETT: I would overrule.

MR. LILLY: Does rebuttal apply to cross-examination, not just to what our witnesses bring in?

CHAIRMAN BAGGETT: Yes. Since I've been here it has.

MR. CUSTIS: All 17 of the wells were, based on my interpretation of the drillers' descriptions, were in

1 Franciscan bedrock.

2 MR. BRANCH: Do you have any documentation of that?

3 MR. CUSTIS: I have a printout of a spreadsheet, part  
4 of a spreadsheet that I have which has the descriptions.

5 MR. BRANCH: We're going to call this DFG Exhibit 26.

6 There was some discussion yesterday about the direction  
7 of groundwater flow in upstream from North Gualala Water  
8 Company's Elk Prairie well field. Have you made any  
9 projections as to the groundwater flow just upstream of that  
10 area?

11 MR. CUSTIS: Yes.

12 MR. BRANCH: In what projections have you projected  
13 those flows to be?

14 MR. CUSTIS: Generally in an east-west direction.

15 MR. BRANCH: Could you please walk us through your  
16 analysis?

17 MR. CUSTIS: In doing -- we talked about this a little  
18 bit yesterday. I relied on the Rau Associates report. It  
19 is December '97.

20 MR. BRANCH: We have a report here prepared by Rau &  
21 Associates, titled Stream Flow measurements on the North  
22 Fork Gualala River Near Elk Prairie. I will distribute  
23 those. We will call this DFG 27.

24 MR. CUSTIS: If you turn -- the page numbers are Bates  
25 stamped, my assumption, the number in the bottom. I got

1 this off the archive file CD, so I assume this is a State  
2 Water Board number.

3 If you turn to Page 2182, there is a site map. What  
4 that shows is a topographic map of Elk Prairie and lower  
5 portion of the North Fork Gualala with the location and  
6 cross sections that were done, that were stream flow  
7 measurements and stage were taken during 1996, '97, the  
8 subject of this report.

9 On Figure 2, which is on Page 2187, Rau & Associates  
10 have calculated for -- this is a figure to the North Fork  
11 Gualala River profile. They have calculated a general slope  
12 of the water surface at approximately 0.32 percent.

13 MR. BRANCH: Which water?

14 MR. CUSTIS: This is the water surface at Elk Prairie  
15 and at --

16 MR. BRANCH: Ground or surface water?

17 MR. CUSTIS: This is surface water. And you can see  
18 there is in the middle of the drawing there is a notation of  
19 Production Well 4, Section 2. There is a break in slope.  
20 Below Production Well 4 there is a -- show the slope as  
21 being --

22 MR. BRANCH: Is the North Gualala Water Company  
23 Production Well 4?

24 MR. CUSTIS: North Gualala Water Company's Production  
25 Well 4, 0.24 percent.

1           What I did was take section -- if you read the document  
2 I believe that Section 1 on this map -- that is Section 1  
3 '93. Section 1 in '97 moved, the section locations.

4           Essentially where Section 2 is, 1996, '97, that is SG 1  
5 in Exhibit 14, Luhdorff & Scalmanini.

6           MR. BRANCH: Staff gauge one.

7           MR. CUSTIS: What I did was look at projecting. If you  
8 go 400 feet upstream from that you have staff gauge three.

9           MR. BRANCH: Is there a map or anything you can point  
10 to to help walk us through?

11          MR. CUSTIS: We can go to this figure, which was our  
12 Exhibit 25, to show the general location of things. What I  
13 did was to take staff -- the distance upstream, using this  
14 scale, upstream from staff gauge three to a point upslope or  
15 upstream, through the access to the canyon up marble five.  
16 That is approximately 500 feet upstream. I took another  
17 point that is right about at the edge of the map here that  
18 is approximately 700 feet upstream and calculated with that  
19 gradient what the water surface would be from the individual  
20 water surfaces recorded at SG 3. And then asked the  
21 question is this -- these points higher, are they higher or  
22 lower than their associated well points.

23          And except for one anomaly where the gradient at SG 1  
24 was actually higher than the elevation was reported as  
25 higher than SG 3, you always had flow from the North Fork

1 Gualala River to Monitoring Well 5. They were always  
2 higher than the gradient.

3 MR. BRANCH: So there was essentially a groundwater  
4 elevation difference between the points upstream you are  
5 talking about and those downstream?

6 MR. CUSTIS: There was surface water elevation  
7 difference with the groundwater wells elevation difference,  
8 similar to what we have been doing here on these wells  
9 compared to SG 1, 2 and 3.

10 MR. BRANCH: For those of us with your technical  
11 knowledge, how does that correlate with the groundwater  
12 surface elevation?

13 MR. CUSTIS: What I believe happens is that as the  
14 groundwater discharges to the subsurface -- the purpose for  
15 doing this map is to show you have fairly shallow alluvium,  
16 sand and gravel encountered very close to the surface in  
17 this area, that groundwater discharges through the  
18 subsurface and then moves down along under Elk Prairie, and  
19 when it hits this cap, essentially a clay cap, it bends to  
20 the left and goes towards the river.

21 MR. BRANCH: How is the clay cap you are talking about  
22 demonstrated on this Exhibit 25?

23 MR. CUSTIS: What I did with the red dashed lines on  
24 Exhibit 25 is to try to draw approximate contours through  
25 the points on each individual well, taken off well logs. So

1 we have points for Monitoring Wells 1 through 5, to the  
2 first significant sand and gravel layer and Pumping Wells 4  
3 and 5. Just drawing the contours. These two points are  
4 essentially the same.

5 MR. BRANCH: The data for these contours, where is that  
6 taken from? Is that already an exhibit that has been  
7 entered into the record?

8 MR. CUSTIS: You can see it on the cross sections in  
9 Exhibit 14, and we have entered well logs, Pumping Well 4  
10 and 5 and Monitoring Well 5 into the exhibits already  
11 because these were things we were going to talk about. The  
12 other well logs we --

13 MR. BRANCH: This data has been drawn -- would I be  
14 correct in saying this data has been from the Luhdorff and  
15 Scalmanini reports, well logs?

16 MR. CUSTIS: Yes.

17 That essentially is it unless you have a question.

18 MR. BRANCH: Thank you.

19 CHAIRMAN BAGGETT: Mr. Lilly.

20 ----oOo----

21 CROSS-EXAMINATION OF DEPARTMENT OF FISH AND GAME

22 BY NORTH GUALALA WATER COMPANY

23 BY MR. LILLY

24 MR. LILLY: Good morning, Mr. Custis.

25 While you have Exhibit DFG 25 up on the screen, I'm

1 going to ask you two questions about that.

2 First of all, please just tell us what the red dashed  
3 lines are.

4 MR. CUSTIS: They are the depth in the well logs where  
5 you had a contrast between fine grained materials above and  
6 coarse grained materials below. So sort of top of the  
7 coarse grained aquifer, the aquifer material, or bottom of  
8 the fine grained materials. It is the same point.

9 MR. LILLY: So those two do not indicate the direction  
10 of groundwater flow, do they?

11 MR. CUSTIS: No. What they do is define a subsurface  
12 bank.

13 MR. LILLY: What they really define is the elevation of  
14 the difference between the fine sediment materials and the  
15 coarser grained, right?

16 MR. CUSTIS: They define the contour surface, the lines  
17 are the contoured surface, between material that is high  
18 permeability and material that is a low permeability.

19 MR. LILLY: Do you have any estimate of the relative  
20 permeability of those two materials?

21 MR. CUSTIS: What we have from Luhdorff & Scalmanini  
22 what the estimate is for the alluvium, which is 4,500  
23 gallons per day per foot squared. In a clay material I  
24 would guess it is at least one or two magnitude less.

25 MR. LILLY: Is that clay or --

1           MR. CUSTIS: It is a mixture -- if you look at the  
2 well, it is a ML and CL in engineering silty clay or a  
3 clay.

4           MR. LILLY: No further questions.

5           CHAIRMAN BAGGETT: Have any redirect?

6           MR. BRANCH: No.

7           CHAIRMAN BAGGETT: Thank you.

8           Is North Gualala ready?

9           MR. LILLY: We will start out by calling Mr. Phillips  
10 for rebuttal.

11           Good morning --

12           MR. BRANCH: Can I have my witness back to consult  
13 before he begins?

14           CHAIRMAN BAGGETT: Are you interested in entering some  
15 exhibits into evidence? Let's finish that. I apologize.

16           Would you like to offer your exhibits?

17           MR. BRANCH: Yes. I would like to enter DFG Exhibits  
18 26 and 27 into evidence.

19           MS. LEIDIGH: There was also 25.

20           MR. BRANCH: We offered that yesterday.

21           CHAIRMAN BAGGETT: We didn't accept it.

22           Twenty-five, 26 and 27, Mr. Lilly, any objection?

23           MR. LILLY: No objections.

24           CHAIRMAN BAGGETT: So entered.

25           Is that it?

1 Thank you.

2 Now.

3 ----oOo----

4 DIRECT EXAMINATION OF NORTH GUALALA WATER COMPANY

5 BY MR. LILLY

6 MR. LILLY: Thank you, Mr. Baggett.

7 Good morning, Members of the Board.

8 Good morning, Mr. Phillips.

9 Just to state the obvious, you are still under oath  
10 that you took yesterday in this proceeding.

11 Are you aware of that?

12 MR. PHILLIPS: Yes.

13 MR. LILLY: I do have a few rebuttal questions for you  
14 in response to some of the testimony Mr. Custis gave  
15 yesterday.

16 Have you read the written testimony that Mr. Custis has  
17 submitted for this hearing?

18 MR. PHILLIPS: Yes, I have.

19 MR. LILLY: Were you present both yesterday and today  
20 when Mr. Custis testified?

21 MR. PHILLIPS: Yes.

22 MR. LILLY: In particular have you read or have you  
23 reviewed DFG Exhibit 9, which actually is the big map for  
24 which a copy is just to the right of you there?

25 MR. PHILLIPS: Yes, I have.

1           MR. LILLY: Based on extensive fieldwork in the  
2 watershed of North Gualala River and particularly in the  
3 vicinity of the Elk Prairie, do you have any comments  
4 regarding the accuracy of this map that is DFG Exhibit 9?

5           MR. PHILLIPS: Yes, I do. Exhibit 9 is titled Geologic  
6 and Geomorphic Features Related to Landsliding, in part.  
7 The typical purpose for this type of map is surficial  
8 geology, presents landslides, soil deposits and those kinds  
9 of things. Only secondarily does it present any bedrock  
10 information. Valuable use for such a map is in planning  
11 purposes and administration of applications for things like  
12 timber harvest plans. After all, we don't want to place  
13 excavations, roadways, landings in active landslides, nor do  
14 we want to put any clear-cut-type logging features in areas  
15 that are highly susceptible to erosion.

16           So this map is very useful in those purposes. It has  
17 value for those purposes. However, it is not a bedrock  
18 geologic map. The bedrock geology is generalized. It shows  
19 on this plate here there are literally tens of square miles  
20 that are classified as Franciscan sandstone. This is the  
21 light green area east of the San Andreas Fault that shows no  
22 complexity whatever.

23           The Franciscan formation is extremely complex, both in  
24 its mode of deposition and its history of placement. It is  
25 post-depositional subduction. It's been subject to mountain

1 building processes, tectonics and uplift as well as recent  
2 faulting through the San Andreas Fault zone. Those  
3 complexities are readily apparent on a typical bedrock  
4 geologic map. Faults, morphologies would be shown on those  
5 kinds of map. Groundwater in particular is a natural  
6 resource, and like other natural resources, it is controlled  
7 by the placement of that material, the occurrence  
8 groundwater is controlled by subsurface bedrock geologic  
9 conditions.

10 My work in the field, I have been able to spend quite a  
11 bit of time specifically in the area directly surrounding  
12 Elk Prairie and on both sides of the San Andreas Fault with  
13 specific concern on the east side of the fault within the  
14 Franciscan drain. In an area several miles surrounding the  
15 Elk Prairie I have been able to identify other geologic  
16 bedrock units that are not depicted on this map,  
17 specifically the Olson Ranch. It had been discussed  
18 yesterday. The Olson Ranch is mapped as an orange feature.

19 CHAIRMAN BAGGETT: Can you put the map up?

20 MR. PHILLIPS: I could see it down here.

21 The Olson Ranch formation is a younger formation than  
22 the Franciscan formation. It's postulated that it was  
23 placed on an old erosional surface and has since been  
24 dissected and most of that material has been eroded away and  
25 there are remnants left of that cap on the ridges in that

1 area.

2 MR. LILLY: "That area" being where the orange is shown  
3 on this exhibit?

4 MR. PHILLIPS: Correct.

5 There are other plates to this map that project to the  
6 south. I believe two more plates that show, again, the same  
7 amount of area to the south. The Olson Ranch is also mapped  
8 capping the ranges to the south. It's noticeable that the  
9 Olson Ranch is not mapped anywhere near the Elk Prairie area  
10 from a superficial evaluation of the map and itself there is  
11 some geologic reason that that -- you would speculate that  
12 there may be a geologic reason that that Olson Ranch is not  
13 mapped. There could be other reasons, one of which was that  
14 it was not identified by the people out in the field, out in  
15 the field producing the map.

16 The area that I worked directly adjacent to Elk  
17 Prairie. Each and every one of the ridge tops that surround  
18 the Elk Prairie area, in fact, are capped by this Olson  
19 Ranch formation. The elevation of contact between the  
20 underlying Franciscan and overlying Olson Ranch varies from  
21 600 feet to 800 feet to a thousand feet in elevation.

22 It's my opinion that the variation in the elevation of  
23 that contact is partially controlled by the structure in the  
24 area. The structure I mean that there are numerous faults  
25 within the area east of the San Andreas that I have worked

1 in. I've identified on the order of 12 or more, more or  
2 less, fault features. A majority of those are definite  
3 fault features. They displace the Franciscan in some  
4 locations and appear to be displacing the Olson Ranch and  
5 would give some indication of the age of activity of those  
6 faults.

7 That is the kind of complexity that must be identified  
8 to look for natural resource. If you are looking for gold,  
9 oil, gas, groundwater, whatever it may be, the controlling  
10 conditions are those bedrock conditions. Groundwater is  
11 found in secondary permeability in Franciscan which is  
12 fractured, generally fractured sandstone and/or fault  
13 zones. This particular map is inadequate from a bedrock  
14 standpoint to provide that information.

15 MR. LILLY: And just as a general rule is there  
16 generally more fracturing in the Franciscan, in the parts of  
17 the Franciscan formation that are in close vicinity to the  
18 San Andreas Fault zone?

19 MR. PHILLIPS: My observations are that the Franciscan  
20 bedrock units adjacent to the Franciscan -- excuse me, to  
21 the San Andreas Fault zone, are highly fractured. However,  
22 there are ultimately the faults that are contained within  
23 the Franciscan also produce fractures. But from the  
24 observations in the field there are extensive fracturing as  
25 we progress towards the San Andreas Fault zone.

1           MR. LILLY: Just so we are clear, more fracturing the  
2 closer you are?

3           MR. PHILLIPS: Correct.

4           MR. LILLY: Just shifting for a minute or shifting next  
5 to another part of Mr. Custis' testimony. In Paragraphs 26  
6 and 27 of his written testimony he discussed his theory that  
7 the base stream flows and river flows in the North Fork  
8 Gualala River and its tributaries may be maintained by the  
9 slope drainage of groundwater through the shallow soils and  
10 some minimal layer of weathered bedrock in the water shed.

11           Have you read that portion of his testimony?

12           MR. PHILLIPS: Yes.

13           MR. LILLY: Based on your fieldwork in the watershed of  
14 the North Fork Gualala River, do you have a response to Mr.  
15 Custis' theory on this point?

16           MR. PHILLIPS: Yes, I do.

17           MR. LILLY: What is that?

18           MR. PHILLIPS: The model or hypothesis that he presents  
19 is not supported by the actual conditions observed in the  
20 field.

21           MR. LILLY: Elaborate why that is.

22           MR. PHILLIPS: As I testified yesterday, I have had the  
23 opportunity to traverse more than 60 miles, linear miles,  
24 within this area directly. There are literally hundreds of  
25 miles of old skid roads, most of which are abandoned. There

1 are also newly maintained roads cut through the entire  
2 area. The road excavations, even to the skid roads, are  
3 generally a dug filled situation, quickly cut on the uphill  
4 side. We have several feet to tens of feet high excavation  
5 with that material being in side cast onto the side of the  
6 hill, creating a path for trees or trucks or whatever goes  
7 through the forest area bringing out the lumber. I have  
8 been able to walk many of those.

9 Thus, able to observe the soil profile and weathered  
10 bedrock. Even as early as mid to late April a vast majority  
11 of those excavations were dry at the time of my  
12 observation. Essentially no free water within the soil or  
13 weathered bedrock column.

14 MR. LILLY: So do your observations then refute the  
15 theory from Mr. Custis that there would be sufficient  
16 saturation in shallow soils to maintain a base flow in the  
17 creeks and rivers from May through October?

18 MR. PHILLIPS: That is correct.

19 MR. LILLY: Why is that?

20 MR. PHILLIPS: If there -- if that soil column is dry  
21 at this time of year, from a one-year observation, if his  
22 theory were correct, I would predict that the Gualala River  
23 will then be dry soon this year. There are no other  
24 possible recharge area.

25 MR. LILLY: In other words, if there was not recharge

1 to the river through the bedrock fractures that you have  
2 previously described?

3 MR. PHILLIPS: Correct.

4 MR. LILLY: Finally, Mr. Custis in his testimony states  
5 in Paragraph 31 that the permeability of the Franciscan  
6 formation is so low that significant recharge to the  
7 alluvium through the bedrock is unlikely.

8 And based on your work in the Franciscan formation, do  
9 you have a response regarding the permeability of the  
10 Franciscan formation?

11 MR. PHILLIPS: Yes, I do.

12 MR. LILLY: What is that?

13 MR. PHILLIPS: As I testified yesterday, I have  
14 extensive experience in siting geothermal production wells  
15 on hillside terrains in the Franciscan and geyser's area.  
16 Associated with each of those borings, a large oil and gas  
17 deep hole rig and require hundreds of thousands of gallons  
18 of drilling fluid for both safety purposes and medium to  
19 remove debris from the hole and to keep the hole stabilized  
20 as it is being drilled. That fluid is essentially hazardous  
21 waste. It must be contained within a hazardous waste  
22 facility on the side of the hill.

23 If the Franciscan formation were naturally occurring  
24 geologic barrier, the fluid then could be contained in an  
25 excavated sump with a berm around it. However, the

1 Franciscan is so highly permeable that requirements mandate  
2 that these sumps be lined, typically utilize a clay liner  
3 that is a minimum of two feet thick with essentially an  
4 impermeable liner. Otherwise it would be a high risk of  
5 that drilling fluid percolating down through the fractured  
6 rock and contaminating local aquifers.

7 MR. LILLY: When you say required, is that a State of  
8 California requirement?

9 MR. PHILLIPS: Generally the counties are the lead  
10 agencies, and they require minimum engineering standards  
11 that include state regulations.

12 MR. LILLY: Thank you.

13 I have no further questions for Mr. Phillips. I will  
14 shift over to Mr. Scalmanini. I propose we do a panel,  
15 cross-examination.

16 CHAIRMAN BAGGETT: That is fine.

17 MR. LILLY: Good morning Mr. Scalmanini. Just to  
18 remind you, you are still under oath, the oath you took  
19 yesterday for this hearing as well.

20 MR. SCALMANINI: Thank you.

21 MR. LILLY: If you can move the microphone a little  
22 closer, make sure the little green light is on.

23 MR. SCALMANINI: It is now.

24 MR. LILLY: Have you read the written testimony that  
25 Charles NeSmith has submitted for this hearing?

1 MR. SCALMANINI: I have.

2 MR. LILLY: Were you present when Mr. NeSmith testified  
3 during this hearing?

4 MR. SCALMANINI: I was.

5 MR. LILLY: I'm going to just read two sentences from  
6 his statement and ask you to then respond to those.

7 On Page 8, in the first full paragraph, first sentence  
8 of Mr. NeSmith's testimony states: In these statements,  
9 while acknowledging the significant difference in the  
10 permeability between the pertinent rock units, Luhdorff &  
11 Scalmanini appear to claim that the ability of the  
12 Franciscan bedrock to store and slowly release a large  
13 volume of water to the alluvium overrides this difference in  
14 permeability.

15 And then on Page 10, first full paragraph, first  
16 sentence, the testimony of Mr. NeSmith's testimony states:  
17 Conclusions one and two relate in part to Luhdorff &  
18 Scalmanini's premise that no significant seepage from the  
19 bedrock into the alluvium should be occurring where the  
20 permeability difference between the alluvium and bedrock is  
21 sufficient to form a subterranean stream.

22 Are you familiar with those parts of Mr. NeSmith's  
23 testimony?

24 MR. SCALMANINI: Yes.

25 MR. LILLY: Do you have a response to these statements?

1 MR. SCALMANINI: Probably have several.

2 MR. LILLY: Go ahead and give us your response,  
3 please.

4 MR. SCALMANINI: My first one is that I find it  
5 interesting to say that we have a premise that no  
6 significant seepage from the bedrock into the alluvium  
7 should be occurring with a permeability difference between  
8 the alluvium bedrock is sufficient to form a subterranean  
9 stream. If anything, our premise was the exact opposite of  
10 that.

11 Secondly, to consider the whole subject of permeability  
12 and its impact on flow, I think you need to back up in Mr.  
13 NeSmith's testimony a couple of pages from where you  
14 started, and go to Page 6. He says there, in what looks  
15 like the first full paragraph, that the total amount of  
16 water that may be released by a rock is mostly dependent on  
17 its permeability in the volume of pore space that contains  
18 that water. These are the major components of a rock's  
19 "coefficient of storage" often known as the storativity,  
20 quote-unquote, or storage capacity, quote-unquote.

21 And fundamentally that description is completely  
22 technically flawed. Permeability has nothing to do with  
23 storage.

24 MR. LILLY: Just a minute. I will hand out what your  
25 colleague has put up on the screen, which we will then ask

1 to be labeled as Exhibit NGWC 20.

2 I'm sorry, please go ahead. And if you talk about this  
3 on the screen, we are talking about the second page of  
4 Exhibit 20.

5 MR. SCALMANINI: While the figure that is illustrated  
6 is basically just that illustration of how earth materials  
7 have pore spaces that can hold water, the porosity of an  
8 earth material, which is just that, a measure of its pore  
9 space, is the sum of two fractions, one of which is called  
10 specific yield, and the other is called specific retention.

11 The specific retention is that portion of the pore  
12 space that can be occupied by water that will not drain out  
13 to the force of gravity, because basically capillary forces  
14 hold the water against the pore spaces. The other part of  
15 the porosity fracture is called specific yield, and that's  
16 the part that will drain out due to, basically, the force of  
17 gravity.

18 Permeability does not affect specific yield or specific  
19 retention. So the amount of water that will drain from a  
20 pore space in the subsurface is entirely dictated by the  
21 specific yield and specific retentions fractions of the  
22 total pore space and has nothing to do with permeability.

23 Now to be, I guess you could say, fair that the speed  
24 at which water will drain out of a rock has everything to do  
25 with permeability, but the amount that will drain out has

1 nothing to do with permeability.

2 To go on, then, I've already said about the premise or  
3 premises, basically, not that storage or drainage from the  
4 bedrock will, quote, override permeability, but simply that  
5 it will flow, that there is large amount of water in  
6 storage, that is evidenced by high water levels which are  
7 evidenced by seeps and springs from the bedrock above and  
8 adjacent to the Elk Prairie.

9 MR. LILLY: To be clear, when you say "in storage," you  
10 mean in a Franciscan?

11 MR. SCALMANINI: In Franciscan, yes.

12 MR. LILLY: Go ahead.

13 MR. SCALMANINI: As we described in our direct  
14 testimony, all the groundwater contours at Elk Prairie point  
15 to the fact that there has to be flow from that direction to  
16 support the constant gradient which we'll talk about some  
17 more as we go along here this morning.

18 Basically, the bottom line is that the bedrock contact  
19 does not confine the flow of water to some channel that  
20 might be defined by that bedrock content.

21 MR. LILLY: On Page 9, in the first full paragraph,  
22 second sentence, Mr. NeSmith's testimony states it also  
23 means that a well installed completely in the bedrock will  
24 have ten times less the performance than a well installed in  
25 the channel, and thus will have a significantly reduced

1 potential impact on the nearby stream compared to the well  
2 installed in the channel.

3 Are you familiar with that statement?

4 MR. SCALMANINI: Yes, I am.

5 MR. LILLY: Do you have a response to that?

6 MR. SCALMANINI: Yes.

7 MR. LILLY: What is that?

8 MR. SCALMANINI: Well, it is, I guess, fundamentally  
9 impossible to say just based on permeability that the impact  
10 of a pumped well will be more or less or the same than the  
11 impact of another well with different permeability, that the  
12 drawdown around the pumped well which ultimately equates to  
13 impact, whether pumping will have an impact on, in this  
14 case, a surface watercourse is a function of the pumping  
15 capacity and transmissivity of the aquifer, the duration of  
16 the pumping cycle, the distance of the well to surface  
17 watercourse in question, and the storage coefficient of the  
18 aquifer in which it is completed.

19 So, simply stated, if you lower the permeability as he  
20 did, by an order of ten, then everything else being equal,  
21 which it usually isn't when the permeability is increased by  
22 order of ten, but everything else being equal, then the  
23 drawdown in the pumped well in the lower permeability  
24 formation will be significantly greater than one with  
25 higher permeability. But what usually works out to be the

1 case in lower permeability is that you probably have a lower  
2 pumping capacity because of the reduced yield of the  
3 formation, which means, using North Gualala Water Company as  
4 an illustration, to pump the same volume of water you need  
5 to pump for a longer period of time. When you pump for a  
6 longer period of time, you push the cone of depression  
7 farther and farther away from the pumped well, which means  
8 that it can get to the surface watercourse just like it can  
9 from a higher permeability formation.

10 All said, when you take all the factors into account,  
11 that whether you have high permeability or low permeability,  
12 you could have as a function of all the other parameters a  
13 smaller impact, a larger impact, or the same impact. It is  
14 impossible to conclude just by changing permeability that  
15 there is a greater probability for a smaller impact.

16 MR. LILLY: Moving forward in Mr. NeSmith's testimony,  
17 on Page 10 in the last paragraph, first sentence, that  
18 testimony states: Based on their analysis of the results of  
19 the Well 4 pumping test, Luhdorff & Scalmanini appear to  
20 assert another premise regarding the groundwater gradient,  
21 the concept of once percolated groundwater, always  
22 percolating groundwater.

23 Are you familiar with that part of Mr. NeSmith's  
24 testimony?

25 MR. SCALMANINI: Yes.

1 MR. LILLY: Do you have a response to that?

2 MR. SCALMANINI: Yes.

3 MR. LILLY: What is that?

4 MR. SCALMANINI: We didn't make any such assertions.

5 MR. LILLY: Could you please describe that in a little  
6 more detail?

7 MR. SCALMANINI: Well, basically, that as I think I  
8 said at one of the very opening remarks yesterday in  
9 presenting my testimony that fundamentally the question on  
10 the table is how does groundwater occur at the Elk  
11 Prairie. And groundwater in order to ultimately fit a  
12 description of flowing in a subterranean stream channel has  
13 to satisfy four tests. And if water ultimately gets into a  
14 channel and is confined in that channel and satisfies all  
15 those tests, regardless of where it came from, then it would  
16 fit the definition of subterranean stream channel.

17 As I concluded at the end yesterday, that while I think  
18 all the evidence suggests the fact that water has to be  
19 entering the alluvium beneath Elk Prairie from the bedrock  
20 and, therefore, it fails the last of the tests, that the  
21 bed and banks of the channel that can be mapped in the  
22 subsurface does not confine the flow. And so regardless of  
23 the source, whether it came from percolating groundwater,  
24 whether it came from stream recharge or wherever the water  
25 came from, that it doesn't hold its character if it changes

1 the setting in which it occurs.

2 In this case if it were to enter and stay in the  
3 subterranean stream channel, then it would change from  
4 percolating to subterranean stream flow. In this case it  
5 doesn't.

6 MR. LILLY: Another -- on Page 11 of Mr. NeSmith's  
7 testimony near the top of the page states that basically  
8 under the Garrapata test, flow direction does not matter.

9 Do you have a response to that statement?

10 MR. SCALMANINI: Yes.

11 MR. LILLY: What is that?

12 MR. SCALMANINI: I basically have two. Number one,  
13 fundamentally all groundwater is flowing. It flows from  
14 locations of recharge to locations of discharge, whether  
15 that discharge is to a stream channel to well or to the  
16 ocean, wherever it might be going. And fundamentally there  
17 are no places where groundwater is totally stagnate. We  
18 have no gradient for flow. So, therefore, all groundwater,  
19 if it occurs in any setting is flowing. If the flow  
20 direction didn't matter, why have a test.

21 MR. LILLY: In essence the four-part test would become  
22 a three-part test?

23 MR. SCALMANINI: That is exactly right. You can  
24 basically say, if you have a channel and there is water in  
25 it, it is under the permitting authority or jurisdiction of

1 the State Board because flow direction would make no  
2 difference.

3 Now, if you go farther and you mentioned Garrapata and  
4 others have as well, and the copy that I have is downloaded  
5 also, but I think this is on Page 5, if the little brackets  
6 indicate page numbers.

7 MR. LILLY: Before you do that I'll just get you the  
8 exhibit that has the official copy, then you can just get  
9 the page number.

10 MR. SCALMANINI: That is fine.

11 MR. LILLY: I have handed you Permittee Exhibit 6, if  
12 you can just use that so we all have the same page numbers  
13 it would help.

14 MR. SCALMANINI: Reading from Section 3.1 at the bottom  
15 of the Page 3. It says: A channel or watercourse, whether  
16 surface or underground, must have a bed and banks which  
17 confines the flow of water. If we are going to have a bed  
18 and banks that confines the flow of water, then it seems  
19 that those bed and banks that pretty much dictate the  
20 direction of flow within said channel. And I should say in  
21 the quote I just read was quoting Garrapata, which in turn  
22 was quoting L.A. versus Pomeroy.

23 MR. LILLY: Now I'm going to shift over to the  
24 testimony from Mr. Custis for this hearing.

25 Have you read Mr. Custis' written testimony for this

1 hearing?

2 MR. SCALMANINI: I have.

3 MR. LILLY: Were you present when Mr. Custis testified  
4 yesterday and today for this hearing?

5 MR. SCALMANINI: Yes.

6 MR. LILLY: Mr. Custis has testified that there are, in  
7 his opinion, only two possible means by which recharge to  
8 the aquifer in the Elk Prairie could occur. It is  
9 specifically in Paragraph 25 he describes these two  
10 mechanisms as, first, subsurface flow from the subterranean  
11 channel alluvium upstream and then, second, recharge from  
12 the surface water through the sand and gravel bed of the  
13 stream channel.

14 Now I'm going to ask you about each of these, and I  
15 will start by asking about the second of these alleged  
16 recharge mechanisms, that is recharge from surface water  
17 through the sand and gravel bed of the stream channel.

18 Do you have any comments regarding the validity of Mr.  
19 Custis' opinion which are stated in Paragraphs 28 and 29 of  
20 his testimony about the alleged recharge from the surface  
21 water through the sand and gravel bed of the stream channel?

22 MR. SCALMANINI: Yes.

23 MR. LILLY: What are those comments?

24 MR. SCALMANINI: Well, it would take quite a bit of  
25 time. You refer to Paragraphs 28 and 29. As you read the

1 entire testimony, it basically says in response to a  
2 question that precedes Paragraph 26 that the following  
3 paragraphs, 26, 27, 28 and 29, support his testimony that  
4 the two recharge mechanisms that you referred to were  
5 employed. It should be clear that neither Paragraph 26 nor  
6 27 even discusses either of those recharge mechanisms. It  
7 talks about how the bedrock -- excuse me, weathered bedrock  
8 and soils can discharge to the stream in other places.

9 Paragraph 28 describes the types of gravels in the  
10 river and in the upper part of the aquifer system beneath  
11 Elk Prairie. And it basically sets a stage for the fact  
12 that there is connectivity between the stream and the  
13 aquifer system. There is no debate about that. I think  
14 everybody here recognized that the groundwater flows into in  
15 certain places and flows out of -- excuse me, groundwater  
16 discharges to the stream basically freely, particularly at  
17 Elk Prairie.

18 What I found interesting -- I don't know if you can get  
19 it back up -- but DFG 25 that was up this morning --

20 MR. LILLY: We don't have that C&D in the computer, but  
21 I think everyone has a copy of this.

22 MR. SCALMANINI: Interestingly, without producing any  
23 numbers he described how -- he said that the water levels in  
24 the stream as one went up into the vicinity of the gravel  
25 bar to the east of Monitoring Well 4, would be higher than

1 the groundwater measurements at that location. There is no  
2 data to support that, either calculated or measured or  
3 anything else. But what is interesting is he also said from  
4 that location that water would recharge into the aquifer  
5 system to support gradient from -- in other words to  
6 maintain the high gradient from the north, northeast side of  
7 Monitoring Well 4 to support the discharge of water to the  
8 stream to the south, southwest.

9 He also mapped that there are from 37 to in excess of  
10 50 feet of clays from the ground surface down in that  
11 vicinity based on his interpretation of well logs. So he is  
12 fundamentally expecting water to leave the surface  
13 watercourse up at the far right corner of his Exhibit 25 and  
14 infiltrate through 50ish feet of clay to support this  
15 gradient, which runs counter to -- absent -- recognize that  
16 there are no numbers to support that, he is expecting that  
17 phenomenon to take place. That doesn't make fundamental  
18 sense.

19 Secondly, his written testimony discusses the  
20 interpretation of surface water stream gauging and  
21 groundwater measurements in November of 1997 when the river  
22 was observed to be at a higher stage than the closest  
23 measured groundwater elevation.

24 Now the data that he picked to do that show that the  
25 river was higher. What he failed to say was that the river

1 was about less than one inch to less than two inches higher  
2 than the stream for a brief period of time in November  
3 1997.

4 MR. LILLY: You mean than the level of the monitoring  
5 well? You said than the stream.

6 MR. SCALMANINI: I'm sorry. The stream was less than  
7 one to less than two inches higher than the level of the  
8 monitoring well. So we had a very flat but slightly  
9 reversed gradient.

10 He also failed to recognize nor at least acknowledge  
11 that as one moved anyplace else on the Elk Prairie during  
12 that time period that groundwater was predominantly  
13 discharging to the stream at all other locations. So such  
14 as there was a little bit of water that might have been  
15 entering the aquifer at that location, it was circularly  
16 immediately discharging back into the stream system just  
17 downstream, or it was forming what might be commonly  
18 recognized as bank storage.

19 If you switch to another picture here.

20 MR. LILLY: Let me hand out what you have put up  
21 there. You can tell us what this is. It will be labeled as  
22 NGWC 21.

23 Go ahead.

24 MR. SCALMANINI: The concept of bank storage is well  
25 recognized in the literature. What we have prepared as

1 figure number -- say again, please.

2 MR. LILLY: It is Exhibit NGWC 21.

3 MR. SCALMANINI: NGWC 21 is a figure extracted from a  
4 commonly used textbook authored by Freeze and Cherry called  
5 Groundwater Hydrology. It illustrates the primary focus  
6 should be basically on Figure C, but we'll start with A,  
7 which is a cross section through idealized stream which  
8 shows common flow conditions with the stream at the lower  
9 elevation, groundwater higher elevation and groundwater then  
10 discharging toward the stream under those kinds of hydraulic  
11 conditions.

12 When the stream stage rises, as it did in November of  
13 '97, then the stream, of course, is higher than the  
14 groundwater, and there is a potential for the stream to  
15 store some water in the banks adjacent to the river for a  
16 short period of time. That's commonly been measured with  
17 hydrographs as are illustrated with Figure C, that the  
18 storage goes up in response to the fact that the stream  
19 floods. And then the storage drains back out when the  
20 stream subsides after the flooding event.

21 The hydrographs at Elk Prairie support exactly that  
22 concept at the location that Mr. Custis chose in November of  
23 '97 to illustrate this recharge concept. He said that he  
24 calculated water levels upstream that were higher than  
25 Monitoring Well 4 that were farther inland when he didn't

1 produce any numbers to support that. At locations where  
2 this very flat gradient reversal took place, the stream  
3 stage did not get high enough to reverse the gradient all  
4 the way to the inland groundwater levels.

5 In fact, if you look carefully at the hydrographs that  
6 are illustrated in our Figure 7, 8 and 9 from yesterday's  
7 testimony, we don't even go there to say we can't do that.  
8 You can have the groundwater which is most inland in this  
9 case reflected by the measurements in Production Well No. 4  
10 and then Monitoring Wells 2 and 4 are farther inland yet,  
11 but you can see that the entire system responds by upwards  
12 of a couple of feet. So the inland water level when the  
13 stream stage comes up, goes up also.

14 To think that a couple of inches of flat gradient  
15 reversal near the stream is going to produce enough head to  
16 drive water all the way to the inland part of the aquifer  
17 system during a few weeks in November of one year to then  
18 support a continuously discharging groundwater system for  
19 the rest of the year is a little far-fetched.

20 Lastly, although this really relates to his concept  
21 more of the fact that there is recharge from a point bar, I  
22 find it rather interesting that this entire stream system  
23 for over a hundred miles of mainstream and tributaries can  
24 be a gaining reach, meaning the groundwater is discharging  
25 into the reach. We get to one unique location at the

1 eastern edge of Elk Prairie and it turns into a locally  
2 losing reach and instantly turns back into a gaining reach  
3 as soon as it passes that point. It seems like we  
4 conveniently identify a losing location for the purposes of  
5 trying to create some recharge to support a groundwater  
6 discharge farther downstream.

7 MR. LILLY: Just so we are clear, you say "we have,"  
8 are you really saying Mr. Custis has?

9 MR. SCALMANINI: Yes. "We" wouldn't include me in that  
10 particular case.

11 MR. LILLY: Just while we are on that, Mr. Custis this  
12 morning used some estimates of stream stage from a Rau  
13 report and came up with at least an opinion that at some  
14 point around the turn there, what he calls the point bar,  
15 the stream stage may have been higher than the elevations in  
16 Monitoring Well 4.

17 Do you have a comment on that and particularly on  
18 whether or not even if those elevation estimates were, in  
19 fact, accurate, whether or not two elevation points can  
20 determine a flow direction?

21 MR. SCALMANINI: Well, in the strictest sense, if that  
22 is all you have, they could. But basically it takes a  
23 complete network of monitoring in groundwater to determine  
24 what a precise groundwater flow direction is, and that is  
25 what we attempted to do as I testified yesterday, by putting

1 a complete and geometrically organized network in place on  
2 the Elk Prairie to define what the gradient was, not just  
3 take two points and say the water is automatically flowing  
4 from the higher to the lower elevations.

5 And then my other comments I already said, basically,  
6 which is that, A, there is no numbers, B, it's speculation  
7 to say that it would be higher than anything measured in  
8 MW-4 because there is no numbers on the stream to say that  
9 it ever was or could even be calculated to be higher than  
10 what was MW-4.

11 And lastly, as I will show with the contour maps here  
12 in a minute, it is a little questionable how that can take,  
13 recharge through the 50ish feet of clay and support this  
14 constantly discharging groundwater system throughout the Elk  
15 Prairie on a year-round basis.

16 MR. LILLY: Just one point I wanted to clarify. There  
17 was one data point that Mr. Custis referred in his testimony  
18 from stream gauge one on January 24th, 1997, that he says  
19 shows that there was a flow on that date from the stream  
20 into the aquifer.

21 Can you comment on that data point?

22 MR. SCALMANINI: I sure can.

23 If anything in all the testimony that caught me a  
24 little off guard was probably that data point. If you  
25 examine that data point, it shows that, at least as

1 reported, the water level in the stream at SG-1 was higher  
2 than that water level in that stream upstream, which means  
3 that the stream would have to be flowing uphill to counter  
4 that condition. That is physically impossible.

5 So frustrated by that, we examined then a little more  
6 carefully all the rest of the data, thinking there was a  
7 possibility we had a typographical error, because it is  
8 impossible for water to flow uphill to a river.

9 So we went all the way back through the entire record,  
10 all the way to the field notes by the person who took the  
11 measurements. And that number that is there is what is  
12 written down. The consensus of everybody associated with  
13 this is that it is probably an error by two feet, that it  
14 says 34.33 feet and it should be, to be consistent with all  
15 the rest of the measurements, 32.33 feet. There is nothing  
16 to support that and nothing recapturable to verify that. So  
17 it is a unique piece of data that certainly if you take it  
18 in collection with all the rest of the measurements it would  
19 suggest that there is a very anomalous reversal of gradient  
20 both with regard to the stream and groundwater and the  
21 stream and itself, meaning it says that the stream should be  
22 flowing back to the east at that location and that is not  
23 possible. The data without question is not correct, that  
24 single data point.

25 MR. LILLY: Now I'm going to shift over to the -- you

1 have kind of gotten into this because there is some overlap  
2 between the two theories. But the other theory that Mr.  
3 Custis has put forth for possible recharge to the Elk  
4 Prairie aquifer is that there is, quote, subsurface flow  
5 from the subterranean channel alluvium upstream.

6 Do you have any comments regarding this or the validity  
7 of this opinion of Mr. Custis?

8 MR. SCALMANINI: Yes.

9 MR. LILLY: What are those?

10 MR. SCALMANINI: They are multiple. The first of which  
11 I think I've already said, and that is there are no data  
12 points, no measurements, no computed values, no contour for  
13 flow, nothing that supports that in this record. So I can't  
14 comment on whether it is right or wrong. There is none to  
15 support it.

16 Secondly, if I could walk through -- let me back up  
17 one. This would be Figure 7 from my testimony  
18 yesterday. And as you hopefully recall, Figures 8 and 9  
19 have generally the same orientation. So wherever you are on  
20 Elk Prairie as you walk through the year of intense study in  
21 1997 and subsequent year since, the measurements of inland  
22 groundwater levels are always higher than they are closer to  
23 the creek or river than they are in the river itself. So,  
24 basically, when you look at the spacing of these water level  
25 measurements, there is always a gradient for groundwater

1 discharge going from the north side of Elk Prairie to the  
2 south toward the river. Something has to maintain that.

3 Then moving forward to the next figure, which is also  
4 extracted from my testimony yesterday, we contoured --

5 MR. LILLY: This is Figure 11 from your testimony.

6 MR. SCALMANINI: Yes. We have contoured those lines of  
7 equal groundwater elevation. And you can extract from  
8 contours. Contours underground are just like contours above  
9 groundwater. They are basically -- water flows  
10 perpendicular to those contours just like the land surface  
11 slope is perpendicular to surface contours. So we can  
12 define vertical that there is a flow direction that is  
13 perpendicular to those contours. It has nothing to do with  
14 the thickness of clays as was pointed out earlier, et  
15 cetera. It simply is water flows downhill from high head to  
16 low head, whatever it is contoured to be.

17 To examine the concept of whether or not flow can be  
18 coming from either the point bar or otherwise from upstream,  
19 I have prepared two sets of groundwater contours to  
20 illustrate how the stream actually behaves and then how it  
21 would have to behave to support the Custis theory. So the  
22 first of these --

23 MR. LILLY: I will interrupt and I will distribute NGWC  
24 22, and Exhibit NGWC 22 is also up on the screen.

25 MR. SCALMANINI: I will introduce for later purposes

1 the fact that there is dense, dark areas of closely spaced  
2 contours on the north side of the boundary of Elk Prairie,  
3 which are hypothetical contours at a gradient of 0.25 which  
4 is the same gradient that has been used -- was used in  
5 Garrapata, and has been used here as an assumption for a  
6 flow gradient in the bedrock. We will talk about that  
7 later.

8 The focus here should be on the blue contours that are  
9 shaped around the North Fork Gualala River at Elk Prairie  
10 and immediately to the east of it. It's been, I'd say,  
11 unanimously testified to by everybody that base flow in the  
12 North Fork Gualala River is maintained by a discharge from  
13 the surrounding earthen materials, all the soils and  
14 weathered and unweathered bedrock. There is a discharge  
15 which supports a gaining reach and sustained base flow  
16 throughout the year.

17 By fundamental definition the shape of groundwater  
18 contours to discharge to a surface stream has to be convex  
19 when looking at a downstream direction. In other words,  
20 water flows across the contours at a 90-degree angle. They  
21 have to be shaped in such a way that water will then flow  
22 across them and into the river in order to support this flow  
23 that is going into the river.

24 So I have taken the gradient of the stream at  
25 approximately one foot intervals, then shown where the

1 groundwater would be in contact with the stream, and  
2 interestingly how with real measurements which are shown in  
3 black contours at Elk Prairie how the shape of those  
4 contours, based on real measurements, conforms with the  
5 concept of a gaining reach. In other words, the curvature  
6 of the contours is such that it's convex in a downstream  
7 direction and flow is going across the contours and towards  
8 the stream channel.

9 Also, as one approaches what I will call the western  
10 end of the northern boundary of the subsurface channel, the  
11 contours are for all practical purposes parallel to or very  
12 closely to parallel to that northern boundary, which means  
13 the groundwater has to be coming from someplace on the north  
14 side of those contours to satisfy the flow requirement that  
15 that constant gradient that is shown by Figure 7 from my  
16 testimony yesterday on an ongoing basis. That is what the  
17 picture needs to look like, and it clearly conforms with the  
18 actual shape of measured groundwater contours at Elk  
19 Prairie.

20 Now if you examine the Custis approach --

21 MR. LILLY: Should we go forward to the --

22 MR. SCALMANINI: Next figure.

23 MR. LILLY: This will be Exhibit NGWC 23.

24 MR. SCALMANINI: I've superimposed on here in red the  
25 shape the contours need to take in order to have either, A,

1 a losing reach from the stream as he suggests at his point  
2 bar located at the east end of Elk Prairie or to support a  
3 flow direction that would come down this subsurface channel  
4 and somehow get onto the north extreme end of the alluvium  
5 at Elk Prairie and then turn and flow to the south as it's  
6 been measured to do.

7 As you can see, the shape of the red contours to  
8 support a discharging stream or a recharging stream, one  
9 where the surface water is recharging groundwater, is  
10 exactly the opposite of a stream which is gaining. The  
11 contours are shaped in a concave direction as one looks  
12 downstream. So they are the exact opposite of what has to  
13 be the case for the stream to be gaining throughout that  
14 area.

15 Secondly, after forming the red contours in a concave  
16 shape to illustrate how a losing reach would behave, then  
17 ultimately those same groundwater contours need to somehow  
18 be connected to the real measurements, which, again, are the  
19 black contours. So the groundwater would have to turn,  
20 roughly speaking, on the order of 90 degrees in order to  
21 match with that.

22 MR. LILLY: When you say ground, you mean the  
23 groundwater contours?

24 MR. SCALMANINI: The groundwater contours would have to  
25 turn. The groundwater flow direction would also have to

1 turn about 90 degrees.

2 And lastly, yesterday Mr. Custis said that there could  
3 be some water discharging from the bedrock, but he thought  
4 it was a very small amount. For any water to discharge  
5 from the bedrock to the north, there have to be contours  
6 perpendicular to that flow direction. So fundamentally if  
7 you want to take the eastern most contour, it would have to  
8 be concave shape as I've shown relative to the downstream  
9 flow direction in the stream, and then it would have to make  
10 an abrupt turn, basically form like the figure seven in  
11 order to accommodate any flow at all from the north. And  
12 then as I said a minute ago, the contours, as one proceeds  
13 to the west and to the southwest, would have to turn  
14 abruptly to join the real measurements.

15 MR. LILLY: I think we better clarify. When you say  
16 "Figure 7," we may think you are referring to a different  
17 exhibit. Do you mean that the right most red contour would  
18 look like a numeral seven?

19 MR. SCALMANINI: Yeah, that is correct.

20 MR. LILLY: Please just explain whether or not absent  
21 some different subsurface feature that would affect the  
22 permeability, whether these sharp corners or changes in the  
23 red contours are possible under groundwater situations.

24 MR. SCALMANINI: Basically, they are not.

25 MR. LILLY: Why is that?

1           MR. SCALMANINI: The biggest single reason why it is  
2 not in a setting like this is that all the measurements show  
3 that the flow in the North Fork Gualala River at the low end  
4 of Elk Prairie is higher than that flow in the stream at the  
5 east end of Elk Prairie. And what this meaning, the  
6 recharge mechanism suggested by Custis, says is that somehow  
7 the upstream portion of the system, the under flow and the  
8 stream discharge, will produce enough water by discharging  
9 into groundwater and then reappearing a few hundred yards  
10 downstream at a higher flow rate without any new water  
11 coming in from any place. That is pretty magical and it  
12 would be very desirable in someplaces where we are water  
13 short, but it would basically fail the fundamental  
14 conservation of mass in that it makes water from no new  
15 location. The river would replenish itself at a higher  
16 rate, and that is impossible.

17           MR. LILLY: Now let's go forward in Paragraph 31 of his  
18 testimony, Mr. Custis' testimony states, significant  
19 groundwater recharge to the subsurface alluvium through  
20 bedrock is unlikely because of the low permeability and low  
21 water yielding capacity of the tightly fractured sandstone  
22 graywacke bedrock.

23           Are you familiar with that statement?

24           MR. SCALMANINI: Yes.

25           MR. LILLY: Do you have any comments in response to

1 that statement?

2 MR. SCALMANINI: Yes.

3 MR. LILLY: What are those?

4 MR. SCALMANINI: Basically that despite the low  
5 permeability and so-called low water yielding capacity of  
6 the tightly fractured sandstone, it is possible for  
7 sufficient flow to discharge from that formation to support  
8 the kind of observed increases in stream flow that have been  
9 measured in the vicinity of Elk Prairie.

10 And to support that we have basically conducted a  
11 similar Darcian flow analysis to that that has been  
12 described by him and referred to in the Garrapata analysis  
13 or testimony.

14 MR. LILLY: Please go ahead and describe that analysis.  
15 I will hand out our last rebuttal exhibit which is NGWC 24,  
16 and Exhibit NGWC 24 is now up on the screen.

17 MR. SCALMANINI: Well, in NGWC 24 I have summarized two  
18 forms of Darcy's Law. Darcy's Law is the fundamental  
19 premise on which the whole science of groundwater hydrology  
20 is based, developed in the 1850s or '60s. The entire  
21 science has come forward from there. It basically  
22 recognizes that flow in a porous media is equal to its  
23 hydraulic conductivity, meaning the porous media's hydraulic  
24 conductivity, times the gradient, which we talked about a  
25 lot in here times the cross sectional area through which

1 flow can take place.

2 MR. LILLY: That is the first formula,  $Q=KiA$ ?

3 MR. SCALMANINI: That's right.

4 Mr. Custis used this formula to calculate some  
5 discharge from soils in weathered bedrock. There was some  
6 discussion yesterday about how he interpreted well yields to  
7 ultimately get to a hydraulic conductivity. There is, I'll  
8 call it, another form of Darcy's Law which eliminates the  
9 need to try to interpret what the saturated thickness is by  
10 interpreting well completions in the well logs. That simply  
11 is that flow is equal to aquifer transmissivity times the  
12 same gradient times the width across which flow is taking  
13 place. Transmissivity is simply by definition the product  
14 of hydraulic conductivity and saturated thickness. So they  
15 are the same equation, but man is able to either test for or  
16 estimate aquifer transmissivity more easily than he is  
17 hydraulic conductivity in the subsurface.

18 So as you go to the bottom of the figure, at Franciscan  
19 -- in the Franciscan bedrock at Elk Prairie it is possible  
20 to estimate aquifer transmissivity using the same indirect  
21 method that Custis used, which is cited in Driscoll, which  
22 is one of Fish and Game's exhibits.

23 MR. LILLY: For the record it is Exhibit DFG 17.

24 MR. SCALMANINI: Actually, the method was developed  
25 long before Driscoll edited that book. It was developed by

1 an investigator and documented in some work by the  
2 Department of Water Resources in Livermore Valley in the  
3 1960s. Regardless of that, the equation that transmissivity  
4 is equal to 1,500 times the specific capacity of the well is  
5 a reasonable approximation. The originally developed number  
6 was actually 1,460. But regardless of that fine-tuned  
7 detail, again, it is an estimate.

8 And so using the same approximate specific capacity for  
9 wells concluded in the bedrock of around a quarter of a  
10 gallon per minute per foot of drawdown, one would get an  
11 aquifer transmissivity of around 400 gallons per day per  
12 foot of aquifer width. And that is a reasonably low number  
13 for these kinds of formations.

14 The assumed gradient that was used in the Garrapata and  
15 was referred to in this matter and was drawn by us at the  
16 north side is about 0.25. It is an extremely steep gradient  
17 in most groundwater situations but in the kinds of low  
18 permeability materials such as the Franciscan bedrock, and  
19 it is not unreasonable. And when you compare how those  
20 gradients plot out on a map to the fact that you can see  
21 water discharging across rather steep faces, it is not  
22 unreasonable to think that it is approximately what the  
23 gradient is.

24 Lastly, if one looks at the flow width, meaning the  
25 length of the flow along the sides of the channel on both

1 sides of Elk Prairie, both sides of the North Fork Gualala  
2 River at Elk Prairie, it is about 8,000 feet of length. And  
3 using, then, Darcy's Law to compute that, you can come up  
4 with about 800,000 gallons per day or a little over one cfs  
5 as an approximate flow. And that is about the same as what  
6 is discharging into the gaining reach, the increase in flow  
7 in the North Fork Gualala River as one passes Elk Prairie  
8 from east to west.

9 MR. LILLY: Is that last statement based on the flow  
10 measurements that Mr. Cawood did at EP-1 and EP-s?

11 MR. SCALMANINI: That is correct.

12 MR. LILLY: Now, I was going to ask you about Exhibit  
13 DFG 25 and clay layers, but I think you already responded to  
14 that.

15 Do you have anything more to say about that?

16 MR. SCALMANINI: I don't think so.

17 MR. LILLY: Last thing is Mr. Custis made some  
18 testimony about the occurrence of spring and seeps in the  
19 North Gualala watershed.

20 Do you have a response to that?

21 MR. SCALMANINI: I was kind of struck by the words  
22 along the lines that I would have thought I would have seen  
23 them. I was on the field trip on, I think it was, April 8th  
24 of this year. I have to tell you, I marveled at the lack of  
25 questions. But I always marveled at the fact that nobody

1 wanted to go off-site.

2 MR. LILLY: By off-site, you mean off the North Gualala  
3 property?

4 MR. SCALMANINI: Property. Except to get there. And  
5 there was no venturing to the north or to the east in the  
6 watershed to look at or potentially look at any of the kinds  
7 of things such as were illustrated in the photograph which  
8 is about Figure No. --

9 MR. LILLY: I think it was Figure 12.

10 MR. SCALMANINI: I will take your word for it.

11 -- 12 of my testimony yesterday.

12 MR. LILLY: And the map which was 13.

13 MR. SCALMANINI: Yeah. The map was 13, and it showed  
14 that the locations of seeps and discharges to the north and  
15 to the east of Elk Prairie.

16 When one drives up the road that is on the north side  
17 of the North Fork Gualala River, there is abundant  
18 vegetation of the type that is suggestive of groundwater  
19 supporting that vegetation throughout, I will call it, the  
20 watershed on the north side. And when Mr. Custis said, "I  
21 thought I would have driven through them." I was sitting in  
22 the back thinking you were driving through them. They are  
23 all along the side of the road as you go up there. It is  
24 not continuous ferns and grottos of that type. But it is  
25 intermittent throughout the area as one goes up is a

1 function of where fractures are located is my best estimate.

2 MR. LILLY: Did you actually see water in addition to  
3 seeing the wet-type of vegetation?

4 MR. SCALMANINI: You can see water as I described  
5 yesterday from small to large discharges at the surface.  
6 Again, what we are talking about as far as our testimony,  
7 there is a subsurface flow from that same formation into the  
8 alluvium at Elk Prairie from north to south, but you can see  
9 evidence of that aboveground as well from small seeps or  
10 reasonably large stream discharges.

11 MR. LILLY: So the seeps are not the flow into the Elk  
12 Prairie, they are just indicators of the presence of water  
13 in the fractures and the bedrock?

14 MR. SCALMANINI: And the discharge from those  
15 fractures, yes.

16 MR. LILLY: I have no further questions, and I would  
17 like to offer Exhibits NGWC 20 through 24 into the record.

18 CHAIRMAN BAGGETT: We should wait until cross.

19 MR. LILLY: I was just afraid I would forget. If you  
20 can remind me, that will be good.

21 CHAIRMAN BAGGETT: I will remind you.

22 Do we have much cross? If so, we will take a break.

23 Let's just take a break anyway, then it is going to  
24 rebuttal and redirect. So let's take ten minutes.

25 (Break taken.)

1 CHAIRMAN BAGGETT: Back on the record for  
2 cross-examination by Fish and Game of North Gualala.

3 ---oOo---

4 CROSS-EXAMINATION OF NORTH GUALALA WATER COMPANY

5 BY DEPARTMENT OF FISH AND GAME

6 BY MR. BRANCH

7 MR. BRANCH: Mr. Phillips, DFG Exhibit 9 demonstrates a  
8 bedrock canyon surrounding Elk Prairie; is that correct?

9 MR. PHILLIPS: Yes.

10 MR. BRANCH: Do you dispute that a bedrock canyon is  
11 surrounding the Elk Prairie area?

12 MR. PHILLIPS: No, I do not.

13 MR. BRANCH: You were speaking of the permeability of  
14 Franciscan complex and also speaking of some geothermal  
15 wells?

16 MR. PHILLIPS: Yes.

17 MR. BRANCH: How far from Elk Prairie were those?

18 MR. PHILLIPS: I would guesstimate 75 miles, a hundred  
19 miles. They are inland east of the Santa Rosa Valley.

20 MR. BRANCH: You mentioned also some skid roads, some  
21 road excavations and mentioned those were all dry  
22 excavations?

23 MR. PHILLIPS: Yes.

24 MR. BRANCH: From your observations?

25 MR. PHILLIPS: Yes.

1 MR. BRANCH: Did you submit any data or evidence to  
2 back up those observations?

3 MR. LILLY: I'm going to object that that  
4 mischaracterizes his testimony. His testimony is evidence,  
5 so I think the question needs to be clarified.

6 MR. BRANCH: I said any supporting evidence, any  
7 evidence to support his observations.

8 CHAIRMAN BAGGETT: I'll overrule.

9 MR. PHILLIPS: No, I have not.

10 MR. BRANCH: Mr. Scalmanini, you discussed a bit the  
11 issue of groundwater flow being confined within the  
12 channel, correct?

13 MR. SCALMANINI: I don't think I did talk about  
14 groundwater flow being confined within the channel.

15 MR. BRANCH: There is an issue of whether groundwater  
16 is confined within the channel; that's a major issue in this  
17 hearing.

18 MR. SCALMANINI: I will agree with that, the fact that  
19 it is not confined within the channel is what I discussed.

20 MR. BRANCH: Right.

21 Do you have your testimony in front of you?

22 MR. SCALMANINI: I do.

23 MR. BRANCH: I refer you to Figure 10 attached to your  
24 testimony, Luhdorff & Scalmanini illustration.

25 MR. SCALMANINI: Okay.

1           MR. BRANCH: This generally demonstrates some  
2 groundwater elevation gradients and some arrows generally  
3 showing the direction of groundwater flow, correct?

4           MR. SCALMANINI: That's correct.

5           MR. BRANCH: This groundwater flow does not -- is not  
6 demonstrated on this exhibit as flowing back into the  
7 bedrock, is it?

8           MR. SCALMANINI: No, not at least at the north side  
9 where it's been investigated the most, no.

10          MR. BRANCH: South of the stream, there is no data on  
11 this figure, is there, for any groundwater flow direction?

12          MR. SCALMANINI: That's correct.

13          MR. BRANCH: I have the same questions for Figure 11.  
14 Do these groundwater flow charts demonstrate any flow back  
15 into the bedrock?

16          MR. SCALMANINI: No. That would be very, very  
17 speculative at best. They show flow away from the bedrock  
18 to the north. I should say from the --

19          MR. BRANCH: There is no data south of the stream, is  
20 there?

21          MR. SCALMANINI: Yes, that is correct. There is no  
22 data east of Elk Prairie or west of Elk Prairie either.

23          MR. BRANCH: Finally Figure 14, these arrows you  
24 demonstrate as flow coming out of the bedrock, correct?

25          MR. SCALMANINI: That's correct.

1           MR. BRANCH: There is no flow going back into the  
2 bedrock?

3           MR. SCALMANINI: That is correct.

4           MR. BRANCH: There is no data south of the North Fork  
5 Gualala River?

6           MR. SCALMANINI: That's correct.

7           MR. BRANCH: There was an exhibit submitted earlier,  
8 North Gualala Water Company Exhibit 24, the Darcian flow  
9 analysis you have.

10          MR. SCALMANINI: Yes.

11          MR. BRANCH: For the Figure W you have 8,000 feet for  
12 the channel sides?

13          MR. SCALMANINI: That's correct.

14          MR. BRANCH: I'll refer you to, I guess, North Gualala  
15 Water Company Exhibit 23. Could you direct me to where the  
16 channel sides are on this diagram? You measured --

17          MR. SCALMANINI: I'll describe it verbally and then I  
18 will point to it on the figure.

19          MR. BRANCH: You mentioned the flow width as being  
20 8,000 feet from EP-1 to EP-2. EP-1 and EP-2 are labeled on  
21 this exhibit.

22          MR. SCALMANINI: That would be both sides of the river  
23 from, I'll call, the west end of Elk Prairie on the north  
24 side to -- I don't remember exactly, beyond the -- slightly  
25 beyond the east end of Elk Prairie up into the vicinity of

1       either SG-4 or EP-1, where that is -- I'm sure EP-1 where  
2       Cawood's measurements were made, and then on the south side  
3       from, I'll say, about the east end of the Elk Prairie up to  
4       the same location where Cawood's upstream EP-1 measurements  
5       were made.

6               MR. BRANCH: This was measured on both sides of the  
7       stream, then?

8               MR. SCALMANINI: Yes.

9               MR. BRANCH: So do you have any data for the south side  
10      of the stream?

11              MR. SCALMANINI: No. I followed the same approach that  
12      Custis did in analyzing the support from basic flows,  
13      basically both sides of the stream are logically discharging  
14      stored water to support a gaining reach.

15              MR. BRANCH: That is a projection?

16              MR. SCALMANINI: Well, it's not a projection. It's an  
17      observation that the bedrock complex -- we both did the same  
18      thing. The bedrock complex contains water whether it is in  
19      just the soil as he said or in the weathered complex or the  
20      rest of the fractured complex, but it is on both sides of  
21      this canyon as you just asked Mr. Phillips about. It is  
22      logical that the kinds of gradients and the kinds of aquifer  
23      transmissivity that are approximately present in that  
24      location, that that material will discharge on the order of  
25      a cfs which is consistent with the observed gain in flow

1 through the reach that I just described.

2 MR. BRANCH: I have no further questions.

3 CHAIRMAN BAGGETT: Does Pete?

4 Gary, do you have any questions?

5 Barbara?

6 MS. LEIDIGH: I have a few.

7 ----oOo----

8 CROSS-EXAMINATION OF NORTH GUALALA WATER COMPANY

9 BY STAFF

10 MS. LEIDIGH: Mr. Phillips, toward the end of your  
11 testimony you were talking about sealing off the bedrock  
12 when you are doing work in the bedrock?

13 MR. PHILLIPS: Yes.

14 MS. LEIDIGH: You talked about this drilling fluid if  
15 you want to avoid having seep into the bedrock. What  
16 material is the drilling fluid?

17 MR. PHILLIPS: Each of the drill companies have their  
18 own proprietary type of components that they use. Generally  
19 it is a bentonite clay. It is water and bentonite clay as  
20 the typical drilling fluid. There are all kinds of  
21 additives they put in to help support the well structure as  
22 it is being drilled, additives. There is foam additives.  
23 There is also contamination from the drilling itself, oil,  
24 gas, diesel ends up getting mixed in in those fluids and so  
25 on.

1 MS. LEIDIGH: Probably the reason for sealing off is  
2 because of the hydrocarbons that get in there, the diesel  
3 and gasoline and other materials like that?

4 MR. PHILLIPS: It is classified as a hazardous waste  
5 material. And if it is contained in those quantities, it  
6 must be protected from the environment. The environment  
7 must be protected from that material.

8 The reason it is sealed is -- reason they use an  
9 imported seal of some kind is typically a clay liner,  
10 impermeable clay. The material has to be located in some  
11 location, has to run through a laboratory to determine its  
12 suitability. It has to be gathered, trucked, imported to  
13 the site, and then it has to be placed by a contractor.  
14 That placement is such that you have to have an engineer  
15 on-site doing investigation, observation, to determine that  
16 it has been placed in proper -- placed properly in  
17 compliance with the design.

18 But the reason all that is done is that the Franciscan  
19 formation is so highly permeable that it is not a naturally  
20 occurring geologic barrier in and off itself. Therefore,  
21 any fluid that is placed on it has to be isolated from the  
22 permeable zone of bedrock.

23 MS. LEIDIGH: Would you have to do that if you were  
24 working in harder rock, as well?

25 MR. PHILLIPS: At each individual location you identify

1 the geologic structures. If they are not naturally  
2 occurring geologic barriers, yes, you must put in a liner of  
3 some kind. That is correct.

4 MS. LEIDIGH: I think my other questions are for Mr.  
5 Scalmanini.

6 Mr. Scalmanini, as I understood your testimony you are  
7 saying that the water that goes into the alluvium in the Elk  
8 Prairie area was coming from a hillside to the north that  
9 was fractured Franciscan formation. Is that correct?

10 MR. SCALMANINI: I basically said that there is and  
11 needs to be sufficient flow from the north, which says from  
12 that formation without particularly characterizing it, as  
13 far as fractured or otherwise, how it is allowing that water  
14 to yield, that to support, I'll call it, perennial gradient  
15 particularly through that dry part of the year, basically a  
16 perennial gradient for flow to the south, so some water  
17 needs to come from someplace to support, that the only  
18 plausible source is from the north. There could be other  
19 recharge in the system at different times of the year to  
20 support that gradient throughout the great bulk of the year,  
21 all but the rainiest of months, meaning flood-type  
22 conditions in the stream, there needs to be a source coming  
23 from someplace. All the contours point to the fact that it  
24 must be from the north.

25 MS. LEIDIGH: How much water would you assume is stored

1 in that area that would drain into the Elk Prairie area?

2 MR. SCALMANINI: Stored in the bedrock?

3 MS. LEIDIGH: Yes.

4 MR. SCALMANINI: I won't speculate without doing some  
5 calculations.

6 MS. LEIDIGH: You don't have any calculations to tell  
7 you how much mass of earth there is, how much mass of rock  
8 and how much water might be stored in it?

9 MR. SCALMANINI: No. That's probably an estimable  
10 calculation. But fundamentally our focus was on flow  
11 directions and pumping impacts at the Prairie, not where's  
12 it coming from. And so I didn't get into, I'll call it, the  
13 mass of the, I'll call it, the earth materials that form the  
14 north part of the watershed/recharge area to the alluvium  
15 and try to calculate how much water would be in storage  
16 under high or low head conditions or anything like that,  
17 no.

18 MS. LEIDIGH: Do you have any idea how long it would  
19 take to drain out all of the water in the bedrock that is  
20 above the Elk Prairie area?

21 MR. SCALMANINI: Well, at a discharge rate that is  
22 something on the order of one cfs coming from two sides and  
23 the way we looked at the bounds in the vicinity of Elk  
24 Prairie, assuming similar a gradient and similar  
25 conductivity or transmissivity, that more would come from

1 the north side than the south just because the flow path or  
2 flow area is greater on the north than the south at Elk  
3 Prairie. You would be draining at the rate of, let's say,  
4 something in the order of a half of a cfs to two-thirds.  
5 That's on the order of an acre-foot a day.

6 That means that on a year-round basis you would be  
7 draining something like 3- or 400 acre-feet out of the mass  
8 of the north. That is not a lot of water when you look at  
9 the gradients that we had in the last of the two not -- not  
10 the last two, but the two contour maps that we put up this  
11 morning to show the steepness of the gradients at 0.25 up  
12 into the Franciscan formation. So even at relatively low  
13 storage coefficients, there is specific yields. The  
14 draining out 3- or 400 acre-feet in the year would not, I  
15 guess, with the amount of, I'll say, surface area and  
16 thickness of saturation up there likely drain it all out.

17 So in order to answer your question specifically, how  
18 long would it take to drain it all out without any  
19 replenishment, but there is replenishment each year in the  
20 wintertime, probably close to forever because there is  
21 recharge that occurs to that material, and it is draining at  
22 approximately the rate I just said. And so it's unlikely to  
23 completely "drain all out."

24 MS. LEIDIGH: I guess that is all I have.

25 Thank you.

1           CHAIRMAN BAGGETT: Paul.

2           MR. MURPHEY: I have several clarifying questions on  
3 North Gualala exhibits. On NGWC Exhibit 24, the Darcian  
4 flow, bedrock to alluvium at Elk Prairie, about halfway down  
5 the page, equals 1,500 and then an asterisk and SC.

6           Can you define SC?

7           MR. SCALMANINI: Specific capacity.

8           MR. MURPHEY: Thank you.

9           Also on NGWC Exhibit 22 you have approximately contours  
10 of equal bedrock groundwater elevation at gradient equals  
11 0.25.

12           What data did you look at to come up with the location  
13 and shape of those contours?

14           MR. SCALMANINI: The -- none. That basically is used  
15 in this proceeding by others, citing back to Garapatta and  
16 approximate gradient in the bedrock was 0.25. It was  
17 assumed there; it is assumed here. So purposes of staying  
18 consistent and not speculating about some other gradient, I  
19 assumed the same way.

20           What is depicted there on five foot intervals is what a  
21 gradient of 0.25 would look like. It is extremely steep.  
22 As you know, the closer contours are, the steeper the  
23 gradient. For illustration purposes if I did a five foot  
24 contour at Elk Prairie, there wouldn't be but one contour  
25 line because the contours are much, much flatter. So they

1 are at five-foot spacing in the bedrock to show how steep a  
2 gradient of 0.25 would be. And to get some contours on the  
3 Prairie, they're at one-foot contour intervals.

4 There is no observations other than the fact that, as  
5 far as the shape goes, the shape is basically a rounded off  
6 shape of the bedrock contact at the edge of the alluvium.  
7 As one goes, as I talked about before, up the road along  
8 basically the toe of that contact, that you can see  
9 discharge out the face of that material at various  
10 locations. And so I would suggest that that kind of a steep  
11 gradient is probably there. There is water that in some  
12 places you almost classify as a waterfall. It is too much  
13 to be picturesque as a waterfall. You can hear water  
14 cascading down the face where it discharges from a much  
15 higher elevation. So that suggests, again, this very steep  
16 gradient. Whether or not it is 0.25, is speculation. But  
17 it's a reasonable estimate in that kind of step terrain and  
18 that kind of material.

19 MR. MURPHEY: Also on that figure you have blue contour  
20 lines that are approximate contours of equal groundwater  
21 elevation. Two of the northernmost blue lines, which are  
22 north of MW-4, you have 36 with question marks on there and  
23 then another blue line.

24 I was wondering what data points did you use to contour  
25 those.

1           MR. SCALMANINI: I didn't. As I said my purpose in  
2 drawing the ones that are blue was to illustrate the shape  
3 and nature of a contour that would have to be present for a  
4 gaining reach to exist. Basically I wanted to show first  
5 and foremost the curvature that needs to be there to dictate  
6 the flow direction toward the stream as compared to away  
7 from the stream. And then ultimately, and I went a little  
8 upstream to tie into the fact that it's been testified to by  
9 basically everybody, that there is a groundwater discharge  
10 component that supports the base flow of this stream, the  
11 discharges to the stream. There has been gauging of the  
12 stream to show that it increases in flow in a downstream  
13 direction. So it is by everybody's observation a gaining  
14 reach. So the contours need to be shaped as I've shown.

15           Once I drafted it to show the same kind, but that is  
16 not the testimony purposes, but the shape of those contours  
17 needs to be the same as you just keep going upstream,  
18 basically, as far as water is discharging, groundwater is  
19 discharging to support it. As I got into the vicinity of  
20 Elk Prairie, we had real data at the monitoring wells and  
21 the production wells and at the stream gauges. And so I  
22 simply tried to conform or basically ask the question does  
23 the gaining reach contour shape conform with the shape of  
24 the contours as actually measured.

25           And the answer is yes, and that is why I tied the blue

1 to the black. But everything east of basically MW-4 is  
2 extrapolation or basically for illustration purposes. It is  
3 not based on hard data. It just needs to have that shape is  
4 the primary point of drawing it as it is drawn because the  
5 water is discharging into the stream, groundwater  
6 discharging into the stream.

7 MR. MURPHEY: Thank you.

8 I have no further questions.

9 CHAIRMAN BAGGETT: Any redirect?

10 MR. LILLY: Just a couple.

11 ---oOo---

12 REDIRECT EXAMINATION OF NORTH GUALALA WATER COMPANY

13 BY MR. LILLY

14 MR. LILLY: Mr. Phillips, Ms. Leidigh asked you about  
15 the slurry, drilling slurry storage ponds. It just wasn't  
16 entirely clear, but do the regulations -- let me try again.

17 Are there situations where geologic formations have  
18 sufficient natural barriers? I am not talking Franciscan,  
19 but in other formations are there sometimes situations where  
20 there are sufficient natural barriers that the two-foot clay  
21 layer is not needed?

22 MR. PHILLIPS: Yes.

23 MR. LILLY: Can you just elaborate in your experience  
24 when that can happen?

25 MR. PHILLIPS: They're very unique and seldom occur. I

1 personally am not familiar with one although I think the  
2 Bakersfield area has, speculation in some of the landfills  
3 there that there may be some naturally occurring geologic  
4 barriers.

5 That answer is just for an area that would be  
6 investigated for hazardous waste or some kind of waste  
7 facility. There are, in fact, naturally occurring geologic  
8 barriers that do exist, yes.

9 MR. LILLY: So the point is that the regulations do not  
10 require the two-foot clay layer for this type of pit in all  
11 different types of geologic formations?

12 MR. PHILLIPS: If the naturally occurring substrata  
13 will meet the permeability requirements or impermeability  
14 requirements, then no liner is needed.

15 MR. LILLY: In the Franciscan your experience is that  
16 the liners are needed?

17 MR. PHILLIPS: In my experience I have not seen  
18 anywhere in the Franciscan that would come close to meeting  
19 the standard.

20 MR. LILLY: The standard for no liner?

21 MR. PHILLIPS: Correct.

22 MR. LILLY: Mr. Scalmanini, your Darcy's Law  
23 calculation, I believe it is Exhibit 24.

24 MR. SCALMANINI: Yes.

25 MR. LILLY: I think Mr. Murphey or maybe Ms. Leidigh,

1 I'm sorry, I've forgotten which one. Somebody asked you  
2 about basically the assumption about the gradient. If the  
3 -- I'm going to shift over to transmissivity. You have  
4 calculated transmissivity of 400 gallons per day per foot?

5 MR. SCALMANINI: Yes.

6 MR. LILLY: That is based on an average specific  
7 capacity of the wells of 0.265, I think it is, gallons per  
8 day per foot?

9 MR. SCALMANINI: Per minute per foot, but that's okay.

10 MR. LILLY: Gallons per minute per foot. I'm still  
11 learning. If, in fact, the transmissivity of the Franciscan  
12 formation in the vicinity of Elk Prairie were higher -- let  
13 me ask this way.

14 Could the transmissivity of the Franciscan formation in  
15 the Elk Prairie be higher than the 400 gallons per day per  
16 foot?

17 MR. SCALMANINI: Yes.

18 MR. LILLY: Please elaborate why that is.

19 MR. SCALMANINI: Well, it's entirely --  
20 evapotransmissivity in a formation like this is entirely a  
21 function of, I'll say, how broken, fractured or otherwise  
22 compromised the primary Franciscan permeability are. And so  
23 it is possible particularly in proximity to a major fault  
24 system such as the San Andreas rip zone that this material  
25 could be more fractured than what would be encountered at a

1 distance from here where this average well yield reported  
2 in, I think it was, Parfitt and Germain was observed. So it  
3 is possible that it is higher.

4 MR. LILLY: Finally, just to clarify, I think you  
5 testified that the springs and seeps that you observed in  
6 the Elk Prairie area were intermittent. We just need to get  
7 clarification.

8 When you say intermittent, do you mean intermittent  
9 spatially over the terrain or do you mean intermittent in  
10 time?

11 MR. SCALMANINI: I mean intermittent spatially. In  
12 other words, as you drive up, that is what I was trying to  
13 describe, as you drive up the road from Elk Prairie to the  
14 east, it is not like a constant wall of vegetation. But  
15 there are at intermittent locations or discontinuous  
16 locations there are evidence of the types of vegetation that  
17 I was describing, which is evident of groundwater  
18 discharging to support that type of vegetation.

19 MR. LILLY: Thank you.

20 I have no further questions.

21 CHAIRMAN BAGGETT: Have any cross on the redirect?

22 MR. BRANCH: No.

23 CHAIRMAN BAGGETT: Barbara.

24 Exhibits.

25 MR. LILLY: You beat me to it.

1 I would like to offer Exhibits NGWC 20 to 24.  
2 CHAIRMAN BAGGETT: Any objection?  
3 If not, they are admitted.  
4 That concludes the case in chief.  
5 At this point I don't feel we need oral closings. We  
6 will have written briefs. So maybe we can discuss those for  
7 a minute.  
8 From the time issue. I guess the first question is the  
9 transcript.  
10 We can go off.  
11 (Discussion held off record.)  
12 ---oOo---  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

1 REPORTER'S CERTIFICATE

2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

STATE OF CALIFORNIA )  
 ) ss.  
COUNTY OF SACRAMENTO )

I, ESTHER F. SCHWARTZ, certify that I was the official Court Reporter for the proceedings named herein, and that as such reporter, I reported in verbatim shorthand writing those proceedings;

That I thereafter caused my shorthand writing to be reduced to typewriting, and the pages numbered 206 through 271 herein constitute a complete, true and correct record of the proceedings.

IN WITNESS WHEREOF, I have subscribed this certificate at Sacramento, California, on this 26th day of June 2002.

\_\_\_\_\_  
ESTHER F. SCHWARTZ  
CSR NO. 1564

